

ABBY JOHNSON'S

INTERVIEW WITH RUSS DYER

EUREKA COUNTY, NEVADA

YUCCA MOUNTAIN LESSONS LEARNED PROJECT

held in

CARSON CITY, NEVADA

November 23, 2011

1 (5:06 p.m. - Begin Tape 1.)

2 MS. CLANCY: Today is November 23<sup>rd</sup>, 2011. We are  
3 in Carson City, conducting an interview for the Yucca Video  
4 Project. And we are with Abby Johnson, interviewing.

5 MS. JOHNSON: My name is Abby Johnson. I'm the  
6 Nuclear Waste Advisor for Eureka County, Nevada. This is  
7 Yucca Mountain Lessons Learned Video Project, and today we  
8 are interviewing Russ Dyer, who is retired and from the  
9 Department of Energy.

10 (5:06 p.m. - End Tape 1.)

11 (5:06 p.m. - Begin Tape 1-1.)

12 MS. JOHNSON: Russ, I want to thank you very much  
13 for being part of our Lessons Learned Video Project for  
14 Eureka County. I really appreciate your time, and I'm hoping  
15 that we'll cover everything we need to in the next hour or  
16 so. The first question I'd like to ask you is just about  
17 your background, your career, how you came to work for the  
18 Department of Energy, what your educational background is,  
19 and when you first got involved in the Yucca Mountain Project  
20 for DOE, and what did you do for them?

21 MR. DYER: Okay, let's start off--you know me as  
22 Russ Dyer. My full name is James Russell Dyer. Born and  
23 raised in Oklahoma. I'm a geologist by training. I got my  
24 Bachelor's at a little school in Houston called Rice, and I  
25 did my Ph.D. at Stanford. After I finished my Ph.D., I was a

1 university professor, a Geology Professor, at the University  
2 of Texas at El Paso for about six years. While I was there I  
3 kept getting calls from one of my classmates at Stanford who  
4 was trying to hire people for a program that he was involved  
5 in at the Department of Energy, and he knew the kinds of  
6 things I had worked in, analytical side of geology, and he  
7 was interested in trying to get my students involved. And  
8 after a while, I said, "Well, my students are not interested  
9 but I'll come talk to you." So I did, and I ended up taking  
10 a job with the Department of Energy in 1988. August the 1<sup>st</sup>,  
11 1988 was when I came on board with the Department at the  
12 Yucca Mountain Project. At that time we were at 101  
13 Convention Center Drive, down between the Stardust and the  
14 Convention Center in Las Vegas.

15           Earlier there was a closer association with the  
16 Weapons Program, Nevada Operations Office, but before I came  
17 there was a very distinct split between the Yucca Mountain  
18 effort of DOE and the Nevada Test Site, the weapons part of  
19 DOE. So I came after that split, but not much after that  
20 split. I came on board as a staff geologist and progressed  
21 through the ranks as a staff geologist, a branch chief, a  
22 division director, I was the Acting Project Manager, I was  
23 the Project Manager, I was the Special Assistant to John  
24 Arthur when John Arthur came in as a Deputy Director for the  
25 program, and then I became the Chief Scientist, and that's

1 what the role I retired out of in--December 31<sup>st</sup>, 2009 is  
2 when I retired. The vagaries of federal retirement law are  
3 kind of interesting. You need to do things by a certain date  
4 to get the full benefit.

5           So that's pretty much the background. Anything  
6 particular you want me to go into?

7           MS. JOHNSON: Well, I wanted to ask you about being  
8 a manager because from my limited perspective of observing  
9 the project over the years, it seemed like one of the biggest  
10 challenges was to be able to manage contractors in Nevada,  
11 contractors doing work somewhere else, the national labs and  
12 DOE employees. And so my observation was that you had very  
13 strong management skills as well as a good scientific  
14 background.

15           MR. DYER: Okay, and actually that's one thing I'll  
16 give DOE credit for. It was a highly technical program. Now  
17 you have a choice, you can either take a manager and try to  
18 make--give them enough technical expertise to understand when  
19 to say yes or not, or you can take a technical person and put  
20 them in a management position. I had a--well, I had another  
21 part of my background I didn't talk about. I spent five  
22 years in active duty in the navy, and then was in the  
23 Reserves for about thirty years. So I had quite a bit  
24 management experience through the navy. I was an officer, I  
25 retired as a Navy Captain. So I had both management and

1 technical experience, so that was something that not  
2 everybody--not every Ph.D. has that kind of background.

3 MS. JOHNSON: Did you spend more of your time  
4 managing or involved in science?

5 MR. DYER: Regrettably, I spent most of it  
6 managing. Management is about people, and the technical  
7 stuff pretty much takes care of itself. The decisions to  
8 make of what to fund and what not to fund, those were  
9 legitimate management decisions, but most of the management  
10 challenges that I had had to do with people.

11 MS. JOHNSON: Were there specific challenges about  
12 the different--you had so many people working for you, and so  
13 many of those people were working for someone else, for a  
14 national lab, who then works for DOE, a variety of  
15 the--what's it called, M and O, the management and operations  
16 contractor, and then all the people they work for. It seems  
17 like you're like an orches--you're the leader of the  
18 orchestra, kind of.

19 MR. DYER: Well, yes and no. Yes, we had a  
20 management and operations contractor, we had a series of  
21 them, that might have 1,500, 1,800 people working for them,  
22 but they didn't work for me. There was a contractual  
23 relationship between the Department of Energy and that  
24 contractor--actually, every contractor--so it's really not  
25 allowed for me to give direct--or for any DOE employee,

1 except the contracting officer, to give directions to a  
2 contractor. All of that comes through the contractual  
3 vehicle. And that's one of the things that everybody had to  
4 become familiar with, is that all of the contractors we had  
5 were not an augmentation of DOE staff. They had a job to do.  
6 That job was laid out in a contract and their mission was to  
7 execute that contract.

8 MS. JOHNSON: Wow, that's a--I didn't quite realize  
9 it worked that way where you, who would understand the  
10 technical information and might need the contractor to go  
11 further in a particular area, couldn't direct them directly  
12 but--

13 MR. DYER: Well--

14 MS. JOHNSON: --would need to go through the  
15 contracting--

16 MR. DYER: You--

17 MS. JOHNSON: --officers.

18 MR. DYER: You could do it but you had to do it  
19 through the contractual vehicle. You had to make a change to  
20 the contract, or to the annual operating instructions that  
21 the contractor was operating under.

22 MS. JOHNSON: Were the people who had direct  
23 contact with the contractor, were they also people who  
24 understood the science and the engineering, or were they  
25 pretty much people who understood how to do contracts?

1           MR. DYER: They were pretty much people who knew  
2 how to do contracts. Now there was also--I mean, the  
3 contracting officer had to be a qualified contracting officer  
4 who has a--who has met a series of qualifications and hold  
5 what's called a warrant.

6           MS. JOHNSON: Oh.

7           MR. DYER: And there are different levels of  
8 warrants, depending on the value of the contract. Many of  
9 our contracts were a hundred, \$200 million contracts. So  
10 they would require that the contracting officer had the  
11 highest level of qualifications, of the highest warrant, that  
12 was available. But they were contractual specs--specialists.  
13 They would have to rely on input from the technical  
14 specialist as to what really needed to be done so that we  
15 could put modifications in place to steer the contractor and  
16 to--if something came up, if the results of a test were not  
17 quite what we expected, then we'd have to modify something  
18 else in the program, go back and do more tests, or modify  
19 something else.

20           And all that had to do--had to be done through a  
21 series of integrated contracts, not just through the one M  
22 and O contractor, but you mentioned the national labs, which  
23 had various parts of the technical program. And we split the  
24 technical program up into areas of specialty, if you will, so  
25 Livermore was, for instance, was in charge of the waste

1 package conceptual development and looking at the, oh,  
2 determining the performance of different materials that might  
3 go into the waste package; whereas, either Lawrence Berkley  
4 Labs or the U.S. Geological Survey were looking at waterflow  
5 within the mountain, or the changes in chemistry, and some of  
6 the information that they developed about how the water  
7 chemistry in a certain area might change what you want  
8 Livermore to focus on in the materials. So it all was very  
9 interrelated and we had to keep our hands on what was coming  
10 out of everywhere and then make tweaks to different parts,  
11 and sometimes some fairly major changes too.

12 MS. JOHNSON: Yes. Let's move on to the next  
13 question.

14 (5:17 p.m. - End Tape 1-1.)

15 (5:12 p.m. - Begin Tape 1-2 Corrected.)

16 MR. DYER: --I mean, the largest staff that I think  
17 we ever had when I was the project manager, we had 105 DOE  
18 employees, and that covered the entire gamut; that was  
19 financial, that was contracts, that was outreach, that was  
20 quality assurance, that was the health program, that was the  
21 technical program, which was dominantly science. Engineering  
22 was a separate program, the field management, and so all of  
23 those things were covered by about 100 employees. And,  
24 obviously, 100 employees could not do all of the work that  
25 had to be done.



1           Helping those 100 employees were the contractors,  
2 so the management and operations contractor might have 1,500  
3 to 1,800 employees. The U.S. Geological Survey at times had  
4 100, or maybe 120 employees. The Los Alamos, Livermore,  
5 Sandia, Lawrence Berkley Labs, all of those had between forty  
6 and maybe 200 individuals who were associated with the  
7 program. So they were the ones that were actually doing the  
8 work. They had the facilities, they had the laboratories,  
9 they had the computer resources, they had the field programs.  
10 So the DOE employees were not the actual researchers.

11           And whenever--I mean, we staffed up. When I came  
12 to work for DOE there were about thirty employees, and that  
13 grew significantly. And I did a lot of the recruiting and a  
14 lot of the interviewing, especially on the technical side,  
15 and we were specifically looking for a particular kind of  
16 person. And my ideal employee--I had to explain to everybody  
17 that I talked to that if you're looking at a career in  
18 research, this is not the job for you because you're not  
19 going to get to actually do much of the work. There were a  
20 few people that were able to juggle their other duties and  
21 actually help some of the other researchers and actually do  
22 some research, and the co-authors on paper, but that was  
23 rather unusual.

24           What I was looking for, primarily, in my ideal  
25 employee, was somebody who had the educational background,

1 already had the experience, had a technical reputation if  
2 they will--if you will, already developed, and could read and  
3 understand the work that was being done, as it was being  
4 done, and evaluate it, make suggestions of whether we've got  
5 enough of this, if we need to do more of that, looking at the  
6 commitments that we have made to the Nuclear Regulatory  
7 Commission, or to other entities, the Nuclear Waste Technical  
8 Review Board, even the affected units of local government.  
9 We had commitments to them. Were you fulfilling all of those  
10 commitments? Were there some things that we needed to do  
11 more of? Or, in some cases, we had done enough. Well, we  
12 already knew the answer; we didn't have to do the rest of the  
13 program that we had laid out. So, making sure that people  
14 understood, before they came to work for DOE, what kinds of  
15 jobs they would be doing was very critical to keeping a  
16 satisfied employee; otherwise, they're going to be frustrated  
17 and we're going to be frustrated.

18 MS. JOHNSON: That's fair helpful.

19 MR. DYER: Uh-huh.

20 MS. JOHNSON: So you've kind of laid out the--the  
21 sort of the broad landscape of how this worked, but then  
22 there's the political process. DOE is part of the Executive  
23 Branch of government, and there was a lot of turnover with  
24 Secretaries of Energy who then appoint Directors of the  
25 Office of Civilian Radioactive Waste Management. How did

1 that process of turnover at the highest levels of government  
2 affect the program?

3 MR. DYER: Huh. Well, there is no getting away  
4 from the fact that this was a highly political program. I  
5 don't care who was in the White House. If you go back and  
6 look at when major pronouncements or decisions were made,  
7 they were always made with either elections in mind or major  
8 political pronouncements to put whoever was in the White  
9 House in the best possible light, and that it did not matter  
10 who was in--who was in the White House.

11 There was--there was a lot of frustration, on my  
12 part, with the turnover in the top leadership, the Director  
13 of the Office of Civilian Radioactive Waste Management. That  
14 was a political appointee, and there were several people in  
15 there who really were not qualified to do anything with  
16 radioactive waste. They had absolutely no technical  
17 experience at all.

18 Let's go back to what I said, do you want to take a  
19 manager and have them--and push them into a technical job, or  
20 take a technical person and make a manager out of them?  
21 There were a couple that stood out and they were the ones  
22 that had both managerial experience and technical experience,  
23 and the two that come to mind, Ward Sproat, our last  
24 director--well, when I was there Ward had just left--who had  
25 gobs of experience in the commercial nuclear power business

1 on both the technical and the managerial side, and Lake  
2 Barrett, who was never the director but he was the acting  
3 director for, I think, twice as long as any director that we  
4 had. And Lake came from the same background in nuclear  
5 power, Nuclear Regulatory Commission and DOE. They were  
6 both, I think, highly effective because they could deal with  
7 management issues, they could sort out for themselves the  
8 technical side of things, and make their own judgment as to  
9 what their priorities were in technical issues, and they were  
10 familiar with the regulatory environment in which we had to  
11 work. This is not just a program where you can go out and do  
12 anything you wanted to. It wasn't a wide-open research  
13 program, it was done under the very stern eyes of the Nuclear  
14 Regulatory Commission and the oversight bodies, such as the  
15 Nuclear Waste Technical Review Board.

16 MS. JOHNSON: Let's move on to the next question.  
17 You have talked about when--

18 (5:21 p.m. - End Tape 1-2 Corrected.)

19 (5:13 p.m. - Begin Tape 1-3 Corrected.)

20 MS. JOHNSON: --the Director of the Office of  
21 Civilian and Radioactive Waste Management was a strong  
22 leader, who had that mix of management and technical ability  
23 and an understanding of the regulatory context for the Yucca  
24 Mountain Project. When you didn't have that, how did that  
25 affect your job and the ability of the program to move

1 forward?

2 MR. DYER: In general, what we did was, in a given  
3 year we would start planning for the following year and lay  
4 out the things that we thought were most important. So the  
5 director's primary--or one of his major jobs was to put a  
6 blessing on the scope of work that we had identified for the  
7 following year, and the budget allocations that we had  
8 identified. I can think of one instance where--this is in  
9 the early days of what's called "performance assessment."

10 We were trying to understand how the entire  
11 repository system would behave because the repository is a  
12 mix of both--it has two components; it's the natural system,  
13 the mountain, and it's also the engineered part of the  
14 repository, the waste packages, the whatever else that you do  
15 that you do to complement the natural system and to improve  
16 the performance of the entire system. And at that time we  
17 had--we were developing an understanding of the natural  
18 system, how things worked in the natural system, what was  
19 there, how water moved through the system. But we had very  
20 little in the way of information about the engineered system.

21 And I went to the director at that time and made a  
22 strong plea for a much larger waste package program because  
23 the key to improving our--the performance assessment,  
24 improving the reliability or the believability, was getting a  
25 higher confidence that you understood how some of the

1 engineered components would work. So I asked him to increase  
2 the work in the waste package field, and he said he couldn't  
3 do that because he had been told not to do anything except,  
4 essentially, site characterization, looking at how the  
5 natural system worked. So we were developing a lot of  
6 information about the natural system but we weren't able to,  
7 for quite some time, weren't able to use that to develop what  
8 engineered systems needed to be put in place to augment and  
9 complement the natural system.

10 MS. JOHNSON: Well, I think you've just answered  
11 most of a question I was going to ask you, which was, as you  
12 learned more about the natural system, you seemed to  
13 understand more about what additionally needed to be done on  
14 the engineering side because of some of the challenges of the  
15 natural system. What you just told me is you couldn't always  
16 adapt a program as quickly as you wanted to.

17 MR. DYER: Oh, that's absolutely right, for a  
18 couple of reasons. Changing the program is like turning an  
19 aircraft carrier. It does not happen quickly. And  
20 sometimes--I mean, we had large budgets but they were never  
21 as large as what we could have used. The way the--the way  
22 that we had idealized the development of the understanding of  
23 the system was do site--do a--an amount of site  
24 characterization, develop information about what you know is  
25 there and how it works, develop a design about some of the

1 components of the engineered system that would augment and  
2 supplement the natural system, evaluate how that whole system  
3 performs, evaluate where you need more confidence, where you  
4 need more information, where you need to improve performance,  
5 go out and develop that information in the natural system,  
6 apply it to design updates in the engineered system,  
7 re-evaluate that. So there's an iterative cycle that you go  
8 through between site characterization, design, performance  
9 assessment, site characterization--and site characterization  
10 is not necessarily just going out and beating rocks in the  
11 field, on rocks in the field, or field observations. It also  
12 includes all of the laboratory work, corrosion science, all  
13 of the things like that would fall under site  
14 characterization, getting information about performance of  
15 different elements that you can feed into design and into  
16 performance assessment.

17           So the idea was to go through several iterations of  
18 that. We went through; I think, finally, five iterations,  
19 five different performance assessments, and the fifth one  
20 being the one that supports the license application.

21           MS. JOHNSON: And is that called the Total System  
22 Performance Assessment?

23           MR. DYER: That was the Total System Performance  
24 Assessment. It didn't have that name at the beginning--

25           MS. JOHNSON: Yes.

1 MR. DYER: --but, yes.

2 MS. JOHNSON: And you just described a very smooth  
3 process, but what I'm guessing is that with the  
4 institute--the, I guess it's institutional issues of the flow  
5 of the money and the Congressional appropriations process, it  
6 wasn't always quite as smooth as that kind of three-part  
7 process. If you need more information and you go do some  
8 more study and you pour it into the design, and so it goes.

9 MR. DYER: Yeah.

10 MS. JOHNSON: Right?

11 MR. DYER: Well, unfortunately, every bit of our  
12 money had to be appropriated through Congress, and I think  
13 Con--as you read the headlines today, Congress has shown  
14 themselves as being abysmal caretakers of the nation's  
15 finances, and our program showed that. I mean, think of all  
16 the years you were involved with Yucca Mountain. How many of  
17 those years did the nation provide a budget by 1 October,  
18 which was when the physical year started?

19 MS. JOHNSON: I think never, but maybe not.

20 MR. DYER: I can think of two years--

21 MS. JOHNSON: Two years?

22 MR. DYER: --out of the twenty-two years that I  
23 worked for DOE.

24 MS. JOHNSON: Wow.

25 MR. DYER: There were two years. So that means



1 that, for a substantial part of every year, and sometimes  
2 there would be a continuing resolution for three months, six  
3 months, nine months, sometimes for the entire year, and under  
4 those constraints you're constrained to spend no more money  
5 than you spent the previous year, irregardless of what your  
6 plans were that you had for this year. You--we may have had  
7 a prior year budget of \$350 million. We had a \$425 million  
8 program that we had laid out, been approved all through DOE,  
9 all through government, through OMB, and it looked good, but  
10 if you never get the appropriation for that, you never really  
11 have the dollars in hand to execute that program.

12           So as you're going along, you got this holistic  
13 program, but you're going to have to pick and choose things  
14 that you can do because you cannot spend more than you spent  
15 last year, unless, of course, they finally pass a budget that  
16 accommodates that new higher amount, and then you're in a  
17 rush and you may have to try to accomplish three or four  
18 months of work--I mean, three--a whole year of work in three  
19 or four months. The U.S. government, and the way the  
20 government funding process works, is poorly suited to do a  
21 program like this.

22           MS. JOHNSON: Well, I know Ward Sproat had made as  
23 one of his goals--

24           MR. DYER: Yes.

25           MS. JOHNSON: --and one of the few goals he

1 didn't--he was unsuccessful with, to fix that.

2 MR. DYER: Right.

3 MS. JOHNSON: To take the Yucca Mountain program,  
4 what they called "cloth budget"--

5 MR. DYER: Uh-huh.

6 MS. JOHNSON: --meaning that it wasn't subject to  
7 the appropriations process in Congress. It would be separate  
8 money that could just be used from the nuclear waste fund to  
9 do the work, like a science project would in the private  
10 sector. I mean, I--that was sort of my understanding of it.

11 MR. DYER: That's exactly it. Or, say you're  
12 General Motors and you're going to buy a--build a plant.  
13 Well, you lay out the resources needed to build that plant.  
14 It may take four years to build the plant, but you don't go  
15 back every year and say, "Eh, I don't think so. Let's send  
16 everybody home for, you know, six months."

17 And that was one of the things that we were faced  
18 with doing was every year there was an unknowable adjustment  
19 that had to be made in the workforce. People got laid off, I  
20 mean, through no fault of their own. They were doing good  
21 work. It needed to be done, but the funds to support it just  
22 vaporized, or never showed up.

23 MS. JOHNSON: Did you, as part of your job, did you  
24 have to go to Congress and testify about these budget  
25 matters?

1           MR. DYER: I never testified to Congress. I sat in  
2 the front row of hearings behind a number of people to tell  
3 them--you know, if they really made a misstatement, I would  
4 try to get them to correct it right there on the record, but,  
5 no, I never had to--or was never allowed to. One or the  
6 other.

7           MS. JOHNSON: Let's move on to the next question.

8           MR. DYER: Let me get a drink.

9           MS. JOHNSON: Russ, I think the primary--  
10           (5:25 p.m. - End Tape 1-3 Corrected.)

11           (5:15 p.m. - Begin Tape 1-4 Corrected.)

12           MS. JOHNSON: Russ, I think the primary contact  
13 that we have had has been through the affected units of local  
14 government. Eureka County is an affected unit of local  
15 government under Section 116 of the Nuclear Waste Policy Act,  
16 and we, along with nine other counties, have provided, quote,  
17 "oversight," unquote, of the Yucca Mountain Project, and have  
18 had a lot of interactions and meetings with the Department of  
19 Energy to understand the project and that sort of thing. My  
20 question to you is, you were involved in a lot of those  
21 meetings and a lot of those interactions. Could you talk  
22 about the advantages, and also the challenges, of having  
23 local governments involved in the Yucca Mountain program.

24           MR. DYER: The affected units of local government  
25 is, as far as I can tell, a fairly unique construct. If

1 you'll remember when Hazel O'Leary was the Secretary, she  
2 tried to establish a--something that was very common in the  
3 weapons side of Department of Energy, a Citizens Advisory  
4 Board, to get the, essentially, the grassroots citizenry  
5 involved in feedback to the program. And that was really  
6 shouted down by the political entities of the affected units  
7 of local government because they said, "That's our charter.  
8 That's what we are legally bound to do, and also paid to do."  
9 And I'm--there is a part of me that's a little cynical that  
10 the affected units of local government are primarily put  
11 together as a revenue source for those counties. One of the  
12 organizations that we had, some of the best back-and-forth on  
13 the technical side, was Nye County, who put together a  
14 independent technical program that didn't duplicate ours but  
15 actually provided some meaningful feedback and information to  
16 our program.

17           Now there were other topics that the affected units  
18 of local government, I think, were quite effective on. The  
19 Transportation Program was one of them, when they were  
20 scoping for the rail route. There was a lot of feedback that  
21 came from various AULG members about what would be favorable  
22 or unfavorable to them. But the view you get is the view of  
23 the County Commissioners. It's not necessarily the view  
24 of--I mean, I spent a lot of time out in rural Nevada,  
25 talking to people, and I think it's fair to say that County

1 Commissioners don't always provide the same view that their  
2 constituency necessarily does.

3 MS. JOHNSON: I think that's a fair comment. The  
4 Blue Ribbon Commission has been taking a lot of input in,  
5 also trying to come up with some recommendations for the  
6 future. What would your recommendation be in terms of the  
7 involvement of local government in the future? Not  
8 necessarily the Yucca Mountain Project, but of the next place  
9 and the next communities that might be affected. Do you  
10 think that's a valuable thing to have?

11 MR. DYER: Yes, I do, to a point. I hadn't read  
12 everything the Blue Ribbon Commission put out, but if I  
13 understand right, one of the things they strongly supported  
14 was a stronger relationship between the local element of  
15 government, not necessarily the state government, but the  
16 county or whoever, where a potential facility would be  
17 developed, or at least looked at. And I strongly support  
18 that.

19 MS. JOHNSON: I think they haven't really  
20 completely addressed the situation, where you have a local  
21 government that wants to be a good partner, and the state  
22 that doesn't.

23 MR. DYER: Well, you remember back when we had the  
24 nuclear waste negotiator?

25 MS. JOHNSON: Yeah, I do.

1           MR. DYER: Whose job was to look for a site and  
2 look for an entity--it could either be a county or a  
3 tribe--and they actually started--were looking at some  
4 places. One of them was in New Mexico, actually, with the  
5 Mescalero tribe. But the State of New Mexico overrode that,  
6 and say, well, just like Utah, said, "Said, sure, you  
7 can--you can build it, but we'll never allow you to transport  
8 anything over the state lands" for the facility that they  
9 were planning on building outside of Salt Lake City.

10           MS. JOHNSON: The private fuel storage.

11           MR. DYER: Yeah.

12           MS. JOHNSON: Yeah.

13           MR. DYER: Right. So there is a...there is a  
14 absolute challenge there.

15           MS. JOHNSON: Definitely. Let's move on to the  
16 next question. Russ, the Waste Isolation Pilot Project in  
17 Carlsbad, New Mexico, is sometimes cited as an example of a  
18 success story of how to site a repository. Do you--well, I  
19 guess I want to ask you a couple of questions about, what, do  
20 you agree that it is a success story? How does it differ  
21 from the Yucca Mountain Project? And could you also talk  
22 about the--if you could compare the contamination at--the  
23 previous contamination at the WIPP site and Yucca Mountain?

24           MR. DYER: Let's start with the last part first.

25           MS. JOHNSON: Okay.

1           MR. DYER: WIPP was developed in salt beds out  
2 southeast of Carlsbad, New Mexico. There was one experience  
3 that the Carlsbad community had with the Department of  
4 Energy, which really didn't impact the WIPP site per se, but  
5 it was about the only thing that I know of that happened in  
6 the Carlsbad area. Back in the Ploughshare Program, where  
7 the Department of Energy was looking at peaceful uses of  
8 nuclear devices, Sedan Crater, out at the test site, looking  
9 at rapid excavation--really rapid excavation of a lot of  
10 material--and they were looking at using devices underground  
11 to fracture shale and other things, mostly to enhance oil and  
12 gas production, and there was a test, nuclear test, that was  
13 done outside of Carlsbad that leaked a little bit.

14           I don't think it was a terrible thing, like some of  
15 the tests at the test site, but it was still--didn't go quite  
16 as planned. So there was a little negative experience with  
17 the Department of Energy before the Department came in,  
18 looking at putting a repository for the defense waste, the  
19 mostly plutonium waste.

20           Now, realize that WIPP was constructed under a very  
21 different regulatory environment. There was no involvement  
22 by the Nuclear Regulatory Commission. For the first about  
23 fifteen years of WIPP, there was no oversight by any agency.  
24 It was all done internally by the Department of Energy. At  
25 the very end, the Environmental Protection Agency came in and

1 developed standards that were applied to WIPP that provided  
2 criteria that WIPP needed to be able to meet, and EPA was  
3 assigned the responsibility as the regulatory agency, an  
4 independent regulatory agency. But it was never like the  
5 strong regulatory relationship that we had with the Nuclear  
6 Regulatory Commission from the very beginning.

7           One of the--so there were a couple of things that  
8 happened during--that I think led to the success of WIPP.  
9 One was it was totally internal to DOE. It didn't have to go  
10 to anywhere except Congress to get funding to execute the  
11 program. There was--in the beginning there was a little  
12 resistance, but there became a great support from the  
13 community of Carlsbad because Carlsbad looked at this as a  
14 very economic benefit for the community. And, actually, the  
15 State finally also became a supporter because there were  
16 monetary benefits that were made available to the State of  
17 New Mexico.

18           Another thing that WIPP had was a credible  
19 oversight agency at the State. I'm trying to remember what  
20 the name--it was like EGG--

21           MS. JOHNSON: E.G.?

22           MR. DYER: EGK?

23           MS. JOHNSON: Yes.

24           MR. DYER: EGK--something. Bob Neal (phonetic) ran  
25 that organization, and Bob ran a credible organization. They



1 provided legitimate criticism of the Department of Energy.  
2 When the Department was on the right track, he would say so.  
3 When they were not on the right track, he would take them to  
4 task and make them change it or fix it, or show why it was  
5 okay. So there was truly a legitimate outside oversight  
6 organization that was involved in that, I think, and they  
7 represented the interests of the State of New Mexico.

8           And then--I mean, there was still--while WIPP was  
9 being built I was a professor in El Paso, so I--in fact, one  
10 of my friends, fellow professors, was in mapping the original  
11 shafts that went down at WIPP, and I kept very close tabs on  
12 what was happening at WIPP. But there was a lot of negative  
13 reaction in the State of New Mexico, especially about  
14 transportation, and it was the same transportation hysteria  
15 that I saw come to Nevada also. And, of course, now we've  
16 had, what, ten years of operations of WIPP, about, and I  
17 certainly can't think of--I can think of an accident, but I  
18 can't think of any accident released any radioactive  
19 material, and I would expect we'd have the same kind of  
20 experience at Yucca Mountain or any other facility that we  
21 put in place.

22           MS. JOHNSON: Let's move on to the next question.

23           MR. DYER: Okay.

24           MS. JOHNSON: Russ, the Nevada Test Site was looked  
25 at very closely when the government was trying to find

1 possible sites for repositories back when there were many  
2 sites that were being considered. Do you know how that  
3 process went at the Nevada Test Site and how they ended up at  
4 Yucca Mountain? Do you have any background on that?

5 MR. DYER: I do, and, actually, I can back up a  
6 little before that. When I went to grad school at Stanford  
7 in 1976, one of the first seminars that we had for all of the  
8 incoming graduate students, we had the heads of the Geology  
9 Department and the Applied Earth Sciences Department. Connie  
10 Crosscuff (phonetic), one of the eminent geochemists of all  
11 time, and Irwin Rimsun (phonetic), who was an applied  
12 engineering geologist, had been involved with the National  
13 Academy of Sciences, worked to try to find something--how to  
14 deal with high-level nuclear waste. And this had been an  
15 issue, really, since the dawn of the nuclear age. It's just  
16 that during the Cold War, it was too hard of a problem. We  
17 were putting all of our resources into making bombs rather  
18 than dealing with the waste, and everybody felt that  
19 it--"Yeah, it's a problem, but it's not a big problem, and  
20 it's not that hard to solve."

21 Both Irwin and Connie felt that, you know, the  
22 solution was pretty simple, a geologic repository, and salt  
23 was a preferred media at that time. Both of them were strong  
24 proponents of salt. Later, a little bit later, there were a  
25 couple of attempts to try to execute a program, to develop a

1 geologic repository. You may remember the attempt in Lyons,  
2 Kansas, in the--I think it was the mid-fifties, to develop a  
3 repository, and what they found was that Lyons, Kansas  
4 happened to be in the middle of an oilfield. There were  
5 numerous undocumented wells around the area, so you could  
6 never be sure that you didn't have penetrations that went  
7 into where the potential repository would be. So we started  
8 developing ideas of what would really make a good repository,  
9 and what would disqualify a potential area for a repository.

10           Now, from the early 1950's on you had the National  
11 Labs and the USGS. You had the U.S. Geological Survey,  
12 Sandia National Lab, Los Alamos National Lab, Livermore  
13 National Lab--those are the three main weapons laboratories  
14 that were involved out at the Nevada Test Site. And they  
15 were looking at the geology of the area for a number of  
16 reasons. One was to look at--to understand how the geology  
17 was put together so that they could detonate the nuclear  
18 weapons safely, so that they could put the weapon in place,  
19 seal it so there would be no release of radioactive gases  
20 from the detonation. But as they were looking, I mean, they  
21 looked at a wide range of areas, and began to get some ideas  
22 about, well, because this other conversation was playing out  
23 in the background as to what makes a--what would make a good  
24 repository and what would--what would be on the positive side  
25 or the negative side for an area for a repository. So they

1 were evaluating some of the areas around the test site.

2           And, in fact, one of the--I think the--one of the  
3 first papers that suggested the--not necessarily the Yucca  
4 Mountain area, but the desert southwest, was a paper by Ike  
5 Wintergrad (phonetic) of the U.S. Geological Survey, who  
6 pointed out that, you know, there is a geologic feature in  
7 the area of the test site, especially the southwest part of  
8 the test site, where you have an incredibly deep water table.  
9 It's 2,000 feet below the surface to the water table. And if  
10 water is the most important thing to preserve the integrity  
11 of nuclear waste, if you don't get any water on it, don't  
12 dissolve it, don't transport it anywhere, then it pretty much  
13 stays where it is, forever. So Ike said, "Well, if you pick  
14 a place that doesn't have much water, then that really is a  
15 really positive thing."

16           At the same time that the national labs and the  
17 USGS was looking at various areas, the weapons program  
18 was--this is in the mid-eighties, mid-to-late-eighties, were  
19 really picking up their activity. There were some years  
20 where they detonated a hundred devices a year. I mean,  
21 there's almost a thousand devices that were detonated at the  
22 Nevada Test Site, 860, something like--per--not--yeah, close  
23 to a thousand.

24           MS. JOHNSON: Close to a thousand.

25           MR. DYER: And if you've ever driven up through

1 Frenchman Flats and Yucca Flats, especially in Yucca Flats,  
2 driving on that road up to the north where you have  
3 subsidence crater after subsidence crater. I mean, hundreds  
4 of subsidence craters, each of which marks the place where a  
5 nuclear weapon was detonated, or a "device," as they're  
6 euphemistically called. They were afraid that if a--if a  
7 repository program encroached on where they were doing their  
8 active testing, it would--it may in--it may cramp their  
9 style, either by taking away territory that they had kind of  
10 earmarked for a future test, or by taking some part of the  
11 infrastructure, because the--even at that time in the '80s,  
12 the infrastructure at the test site was aging.

13           They had strung the power lines in the--in the  
14 '50s, so you had thirty-year-old power lines out there. And  
15 it was--it was this that led to a stipulation in the Nuclear  
16 Waste Policy Act about, essentially, not interfering with  
17 other activities, and what was meant was the weapons program  
18 at the Nevada Test Site. So the southwest corner of the  
19 Nevada Test Site in Yucca Mountain was an area that was  
20 within the area of expertise that had been studied, not  
21 exhaustively, but enough to know that it was a good  
22 candidate. And it was also adjacent to the Nevada Test Site,  
23 which is an area that will never be released to the public.  
24 It will never be made into, you know, a green land. There  
25 will never be just free and unfettered access allow to the

1 nuclear--to the Nevada Test Site, which is now called  
2 something else--

3 MS. JOHNSON: Is that an international security  
4 site.

5 MR. DYER: --like the Nevada--Is that it?

6 MS. JOHNSON: I didn't get that quite right.

7 MR. DYER: There was--I thought there was--well,  
8 it's got a different title now.

9 MS. JOHNSON: Yes.

10 MR. DYER: It sounds much more benign. But it's  
11 still a dangerous place, and will be a dangerous place  
12 forever. The world doesn't have enough money to clean up the  
13 Nevada Test Site. I mean, it's a thousand square miles of  
14 radioactively contaminated land. So there was one thought  
15 that, well, this is an area that will always be dedicated to  
16 things nuclear, and adding something else is not going to  
17 change very much the legacy that's already here that has  
18 nothing to do with nuclear waste. I mean, it's from the  
19 nuclear weapons program.

20 MS. JOHNSON: Although, just to clarify, the actual  
21 area of Yucca Mountain that is on the Nevada Test Site is not  
22 specifically contaminated.

23 MR. DYER: Well--

24 MS. JOHNSON: Is that correct?

25 MR. DYER: It--remember, there were--in Area 25,

1 the southwest corner of the Nevada Test Site, there were  
2 never any weapons tests at the--in Area 25, but they tested  
3 the nuclear rocket there. And they tested the nuclear rocket  
4 to points of failure. One of the first things we had to do  
5 whenever we came in and started site characterization, was to  
6 identify where there were areas of radioactive contamination.  
7 And there were some areas that were pretty highly  
8 contaminated, that we had to tell people to stay out of, and  
9 those are relics from the--from the rocket program.

10 MS. JOHNSON: Oh, okay. I didn't know that. Let's  
11 move on to the next question.

12 MR. DYER: Okay.

13 MS. CLANCY: So I'm just going to say end tape one,  
14 we're switching tapes now.

15 MS. JOHNSON: All right. Okay.

16 (5:39 p.m. - End Tape 1-4 Corrected.)

17 (5:08 p.m. - Begin Tape 2.)

18 MS. CLANCY: Tape 2, interview with Russ Dyer.

19 MS. JOHNSON: Russ, one of the, I'd say, landmarks  
20 in the Yucca Mountain Program was when there was a change and  
21 the guidelines, which--the site suitability guidelines, I  
22 guess, which were sort of a--well, you can explain what the  
23 guidelines were better than I, but the guidelines were  
24 changed to a different system where there were no  
25 qualifying--there were no disqualifying conditions, and that

1 kind of changed--for a lot of people that changed the rules  
2 of the game halfway through the game. Could you explain what  
3 happened and what lessons could be learned from that?

4 MR. DYER: Okay, that's actually probably one of  
5 the biggest lessons learned to come out of the program, and  
6 it's one of the things that I would hope we don't do in the  
7 future, and that is, along with setting a schedule, at the  
8 very beginning, before you know what's needed or involved,  
9 also setting up requirements as to performance before you  
10 understand what the system is, and what's good or bad about  
11 the system.

12 In 1982, the Nuclear Waste Policy Act came out. It  
13 told the Department of Energy--well, it told the EPA to  
14 develop performance criteria, it told the NRC to adopt those  
15 performance criteria, and it told DOE to do a screening of  
16 potential sites and to develop criteria for evaluation of  
17 those sites. And we called it the Suitability Guidelines.  
18 And based on the body of experience that had been developed  
19 up to that time we knew that there were some things that  
20 were--that contributed to a positive performance of a site  
21 and some things that were--contributed to a negative  
22 performance of a site. Well, we thought.

23 But there were a number of things that got built in  
24 that are kind of counter-intuitive, and let me give you an  
25 example of one. And this didn't become clear until we



1 developed the techniques and the science, if you will, of  
2 looking at the integrated system, the total system  
3 performance assessment. How does the entire system behave,  
4 from the environment to the natural system to the engineered  
5 system that's imbedded in the natural system? How does all  
6 of that behave?

7           One of the criteria that was developed as a  
8 disqualifying criteria said you can't put a repository, or  
9 a--you would disqualify a site if the repository cannot be at  
10 least two hundred meters below the surface of the ground.  
11 The idea behind that was that you want to make sure that the  
12 repository, wherever it might have been developed, would be  
13 deep enough that it would never be exposed by erosion in the  
14 foreseeable future, within 10,000 years. Well, it turns out,  
15 at Yucca Mountain, the further you are from the water table  
16 the better the performance, so the closer you put the  
17 repository to the surface, the better the performance of the  
18 system, yet it's kind of in violation of that thought that  
19 was developed elsewhere because you're not thinking of the  
20 specifics of a particular site.

21           So I think the lesson that I would propose here is  
22 that don't rush into developing these mandatory standards and  
23 criteria, or even necessarily regulations, until you have a  
24 pretty good understanding of what the potential site that  
25 you're going to look at is. We rushed in and made these

1 rules and regulations on the DOE side, the qualifiers and  
2 disqualifiers; on EPA's side, the performance of the system.  
3 If you'll remember, the original EPA performance criteria, as  
4 adopted by the Nuclear Regulatory Commission, put performance  
5 requirements on the engineered system and also on releases  
6 from the system.

7           So there had to be an engineered component of the  
8 system. It had minimal performance requirements. If you  
9 could have found a site, in salt, say, and just stuck the  
10 waste in and used the salt as a seal, you couldn't have done  
11 it because it would not have met the regulations. The  
12 regulations required a waste package that had minimal  
13 performance criteria. So into you develop an understanding  
14 of what the system is going to be, you don't really want to  
15 get too far down the road in putting in place the  
16 requirements and regulations. And that's one of the places  
17 where it looked like we were changing the rules of the game.  
18 Well, yeah, we were, but it's sort of like, Oh, I understand  
19 now. These other things really are conflicting, and they  
20 don't, by having--checking off everything in the positive  
21 column and nothing in the negative column, that doesn't mean  
22 you have a repository that worked. It just means it meets  
23 these criteria. But you still haven't demonstrated that the  
24 whole system has a level of performance that is adequate to  
25 ensure public health and safety. And that's what it should

1 all be about is not geologic criteria, but public health and  
2 safety.

3           So you've got to take these little individual  
4 observations and put them in the context of the public health  
5 and safety, and that's what the overall criteria became, and  
6 I think it was a good change, but not everybody does.

7           MS. JOHNSON: You were earlier--off-camera you were  
8 saying that you'd had some conversations with some folks from  
9 Canada about their system, and I was wondering if you could  
10 explain a little bit about that?

11           MR. DYER: Right. The Canadians--well, the  
12 Canadians, the Brits, the European countries--had very  
13 aggressive repository programs going on until about the early  
14 '90s, and almost every one of those programs came to a  
15 grinding halt because of some reason. In Canada they just  
16 said, we're going to stop the program for--and they stopped  
17 it for about ten years. And there was--because they have  
18 material they must do something with it, they were reaching  
19 out to other programs to understand what are your lessons  
20 learned? What are some of the things that went well, didn't  
21 go well, with your program?

22           And I sat down with the lady who was the head of  
23 the commission, I think it was, that was trying to develop  
24 recommendations for the government, and we talked about  
25 lessons learned. This is one of the big things that I tried

1 to stress to her was that I think one of the--in my  
2 opinion--one of the big mistakes that the U.S. program did  
3 was rushing to put in place the rules and regulations before  
4 we understood what it was that was important. We put in  
5 place the original EPA standard, for instance, which had  
6 released--had constraints on releases. Carbon dioxide -  
7 radioactive carbon dioxide - that would have been released  
8 from a repository, would have violated those standards, yet  
9 the level that would be released is like 1 percent of what's  
10 naturally occurring in the atmosphere now. So there's no  
11 health hazard associated with it. So what does it matter?

12 Well, it's because we didn't think of it  
13 originally. So we put in place these things that, yeah, it  
14 was a criteria, but we didn't know what was important, and  
15 you don't really know what's important until you have a  
16 pretty good understanding of what a specific site is. And  
17 you're never as confident about a site--you're never more  
18 confident about a site than you are before you have ever  
19 looked at it. In other words, that's the most confident you  
20 will ever be about a site because everything else that you  
21 learn, there will be positive and negative things, and you  
22 have to balance out. Well, in the aggregate, how does  
23 this--how would this system of both what's there and what man  
24 can add to it as an engineered component, can that adequately  
25 predict--or, protect public health and safety?

1           MS. JOHNSON: Let's move on to the next question.  
2 You were talking earlier about a program that's  
3 schedule-driven by a schedule that's set before you even  
4 understand what you're dealing with, in terms of studying and  
5 characterizing a site. Could you talk a little bit about  
6 your experience with that, and explain that some more?

7           MR. DYER: This is very similar to the argument  
8 about putting in place the performance standards and  
9 regulations before you understand what's important. Before  
10 you understand what's important, how can you dictate a  
11 schedule before you know what must be done? I mean, what  
12 kind of a facility needs to be built? What kind of studies  
13 need to be done? What information needs to be developed?  
14 What gaps in information need to be filled? How can you  
15 possibly think about putting a schedule--dictating a  
16 schedule--before you have an understanding of what that's  
17 going to take? And I think that's one of the big faults  
18 behind the original Nuclear Waste Policy Act, which put in  
19 place this schedule for the contracts for waste acceptance,  
20 for operational date for repository before anything had been  
21 looked at, in any detail, before any understanding had been  
22 developed about what's important at a specific site, mainly  
23 Yucca Mountain.

24           So that certainly, I hope, will be a lesson. But  
25 I'll tell you, as long as politicians are involved, you'll

1 have something like that because they'll demand something  
2 like that. And for that reason I do not think any kind of a  
3 facility of this nature can be successful as long as it is  
4 dictated by politics.

5 MS. JOHNSON: Well, to follow up on that, there  
6 have been a number of discussions with the Blue Ribbon  
7 Commission and among people who have been involved for years  
8 about what's the best structure, how to manage a repository  
9 project in the future. Is it best with a federal agency? Is  
10 it best with some sort of public-private partnership? That  
11 sort of thing. I'm wondering if you have any opinion on  
12 that?

13 MR. DYER: I think anything that is a federal  
14 project is doomed to failure. Private-public, a TVA-like  
15 model, has a chance of success. I would say the private--a  
16 private approach would probably have the best chance of  
17 success, but I don't see any private entity ever willing to  
18 bet, you know, twenty, thirty billion dollars on this, or  
19 having the resources to do it.

20 MS. JOHNSON: Then can you--

21 DYER: That's why--I mean, that's why it devolved  
22 to the federal government to start with is that the resources  
23 needed to deal with this issue--and, remember, it's not just  
24 waste from nuclear power plants, it's also the leftover  
25 relics from the weapons program. And if you look at the

1 metric tons of material that come out of the nuclear power  
2 program, it's maybe a fifth, a sixth, of what was reprocessed  
3 in the weapons program, like 300,000 tons of material  
4 reprocessed from the weapons program. And that's a lot of  
5 material sitting around.

6 MS. JOHNSON: I read that the Blue Ribbon  
7 Commission has created a new subcommittee, which actually is  
8 going to report back in a couple of weeks, about the history  
9 of comingling the commercial spent fuel from nuclear power  
10 plants with the defense high-level waste, and looking at  
11 whether it should be comingled in the future or split apart.  
12 That will be interesting to see what they recommend.

13 MR. DYER: Yeah, it will, but, I mean, one of  
14 the--one of the underpinnings of the development of nuclear  
15 power in this country was the federal government's assurance  
16 that, eventually, it would deal with the waste, and if that's  
17 not going to happen, I don't know how private industry can do  
18 it.

19 MS. JOHNSON: Good point. I want to ask you  
20 another Blue Ribbon Commission question. One of the themes  
21 that has come up during the Blue Ribbon Commissions, and its  
22 report, is the importance of public acceptance of  
23 consent-based process and public acceptance, and I'm  
24 wondering, what is your view of the need for public  
25 acceptance and how it affect a repository program?

1           MR. DYER: You know, there's many different levels  
2 of public acceptance, and I, from what I understand about the  
3 Blue Ribbon Panel's recommendation, the level of public  
4 acceptance that they stress most strongly is at the local  
5 level, and I absolutely agree with that. But if you look at  
6 the Yucca Mountain Project, and the level of local  
7 acceptance, like in Nye County, Nye County has always been a  
8 strong supporter of the Yucca Mountain Project, so what do  
9 you mean by "public acceptance?" I mean, the local community  
10 was strongly for it. If I look at some of the other  
11 experiences we've had, like nuclear waste negotiator  
12 negotiating with the Mescalero Apache, certainly the local  
13 community was very strongly for it.

14           If you look at private fuel storage, the Goshute  
15 Tribe, at least a majority of them, were strongly for it.  
16 Yet there's a different level of the public, there are many  
17 more people that are either apathetic or opposed. So this is  
18 a nice social construct, but it's a real conundrum because I  
19 don't know how you--where you draw the line. Do you just  
20 have a referendum within the local county, or whatever entity  
21 you have and tell the State it's none of their business, or  
22 do you put it--say it's everybody in the State, or what  
23 constitutes the public? Is it just the people that come to  
24 meetings? In my experience, people that come to meetings are  
25 the people that are paid to come to the meetings. It is not



1 representative of the public.

2 MS. JOHNSON: I think in Nevada there has been many  
3 different versions of public participation--

4 MR. DYER: Uh-huh.

5 MS. JOHNSON: --and dealing with the official State  
6 position versus State and the Counties. The Counties have  
7 been--some, way more supportive than others.

8 MR. DYER: Right.

9 MS. JOHNSON: And--but, ultimately, the State is  
10 the one who can be much more assertive about its official  
11 position.

12 MR. DYER: Well, and that's because of the--their  
13 standing is laid out in the law, in the Nuclear Waste Policy  
14 Act. You know, there were all kinds of opportunities written  
15 in for opposition, up to and including--the governor had the  
16 ability, which he exercised, to veto the site's suitability  
17 determination. He did that. It was overridden by a simple  
18 majority of two--of both Houses of Congress. I can't think  
19 of any other place where a governor gets, you know, that kind  
20 of power. So who represents public opinion, the governor or  
21 both Houses of Congress?

22 MS. JOHNSON: That is the crux of the matter.

23 MR. DYER: Yeah.

24 MS. JOHNSON: Let's move on to the next question.  
25 As we conclude this interview, Russ, I'm wondering what

1 lessons you have taken away from your experience with the  
2 Yucca Mountain Project, and is there anything else you want  
3 to add?

4 MR. DYER: I have a deep, deep cynicism of politics  
5 and politicians. What I found is that laws don't mean  
6 anything, and I'm waiting to see what law an administration  
7 will decide not to enforce next. Will it be segregation?  
8 Will it be Roe vs. Wade? Will it be what? And I find that  
9 very, very disconcerting. I look for the legal structure to  
10 provide some kind of stability and civility, and what I have  
11 experienced here is just a blatant abrogation of existing  
12 law. So my only question is, What's next?

13 MS. JOHNSON: Is there anything else you would like  
14 to add?

15 MR. DYER: I don't think so. I am happy in  
16 retirement.

17 MS. JOHNSON: Thank you so much for your time--

18 MR. DYER: Sure.

19 MS. JOHNSON: --and your willingness to participate  
20 in this project.

21 MR. DYER: Okay. Okay.

22 MS. JOHNSON: Thank you. And we just need to ask  
23 your permission to use this footage either for researchers in  
24 its entirety, or for just short clips on the website.

25 MR. DYER: As you see fit.

1 MS. JOHNSON: Thank you. End of interview.  
2 MR. DYER: All right.  
3 (5:17 p.m. - End Tape 2.)  
4 (Whereupon, the interview was concluded.)  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

TRANSCRIBER'S CERTIFICATE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I hereby certify that the foregoing has been transcribed by me to the best of my ability, and constitutes a true and accurate transcript of the mechanically recorded proceedings in the above matter.

Dated at Aurora, Colorado, this 16th day of December, 2011.

/s/s John Schasny

John Schasny  
Federal Reporting Service, Inc.  
17454 East Asbury Place  
Aurora, Colorado 80013  
(303) 751-2777